

TRANSCRIPT OF PROCEEDINGS

IN THE MATTER OF:)
)
DEFINITIONS FOR GENERAL) Docket No.:
SERVICE LAMPS, GENERAL SERVICE) EERE-2021-BT-STD-0012
INCANDESCENT LAMPS, AND OTHER)
SUPPLEMENTAL DEFINITIONS)
)

Pages: 1 through 40
Place: Washington, D.C.
Date: September 30, 2021

HERITAGE REPORTING CORPORATION

Official Reporters

1220 L Street, N.W., Suite 206
Washington, D.C. 20005
(202) 628-4888
contracts@hrccourtreporters.com

U.S. DEPARTMENT OF ENERGY
OFFICE OF ENERGY EFFICIENCY & RENEWABLE ENERGY

IN THE MATTER OF:)
)
DEFINITIONS FOR GENERAL) Docket No.:
SERVICE LAMPS, GENERAL SERVICE) EERE-2021-BT-STD-0012
INCANDESCENT LAMPS, AND OTHER)
SUPPLEMENTAL DEFINITIONS)
)

Suite 206
Heritage Reporting
Corporation
1220 L Street, N.W.
Washington, D.C.

Thursday,
September 30, 2021

The parties met, pursuant to the notice, at
10:01 a.m.

PARTICIPANTS: (Via Webinar)

ASHLEY ARMSTRONG
U.S. Department of Energy

NAEEMA CONWAY
U.S. Department of Energy

MARY ANDERSON
Pacific Gas & Electric

ALEX BOESENBERG
National Electrical Manufacturers Association

ANDREW DELASKI
Appliance Standards Awareness Project

DAVE GATTO
Westinghouse Lighting

Heritage Reporting Corporation
(202) 628-4888

PARTICIPANTS: (Cont'd.)

CHRIS GRANDA
Energy Solutions

JOSEPH HOWLEY
GE Lighting, a Savant Co.

DANIEL ROGERS
ICF International

STEVE ROSENSTOCK
Edison Electric Institute

ANTHONY SERRES
Signify

STEPHANIE THOMPSON
Koki Holdings America Ltd.

P R O C E E D I N G S

(10:01 a.m.)

MS. ARMSTRONG: Good morning, everyone. I'd like to welcome you to our public meeting concerning the General Service Lamp Definition. We're looking forward to a great discussion today, and we're really looking for feedback from all of you.

So let me start off by introducing myself. For those that don't know me, my name is Ashley Armstrong. I'm a Senior Advisor to the Acting Assistant Secretary in the front office, and I work primarily on code standards and building-related things.

I'd like to welcome you, as I already said. A few ground rules for the day. Participants should raise your hand to be recognized to speak. Naeema will walk through those that have raised their hand. Say your name for the record each time you wish to speak as there will be a complete transcript of this meeting. Please be concise and share the airtime. We're really looking for feedback from everyone today, so keep that in mind as you make your comments throughout the proceeding.

So, throughout the presentation, you're going to see issues boxes. We've highlighted specific

1 issues that we're seeking comment on. Obviously,
2 you're welcome to provide any comments, even those
3 that are not highlighted at issue boxes, but we'll be
4 pausing when we see an issue box more specifically
5 related to those topics.

6 Just a friendly reminder, the deadline for
7 submitting comments is October 18, and we look forward
8 to getting those both verbally today and in writing by
9 the close of the comment period.

10 This is just a summary about how you submit
11 comments. Obviously, you can see that this is also in
12 the notice.

13 At this time, I'm going to open it up. As I
14 said, we're pleased to have you here today. We're
15 excited about this rulemaking and the General Service
16 Lamp definition, and please raise your hand if you
17 would like to speak at this time.

18 MS. CONWAY: We have opening remarks from
19 Dan Rogers.

20 MR. ROGERS: I'm sorry, actually, I don't.
21 I must have raised my hand inadvertently. My
22 apologies.

23 MS. CONWAY: Okay. We have an opening
24 statement from Anthony Serres.

25 MR. SERRES: I'm sorry. Like Dan, I had my

1 hand raised inadvertently.

2 MS. CONWAY: Okay. We have an opening
3 statement from Mary Anderson.

4 MS. ANDERSON: Good morning. Can you hear
5 me?

6 MS. CONWAY: Yes, we can hear you.

7 MS. ANDERSON: Wonderful. Good morning. My
8 name is Mary Anderson, and I am from PG&E, speaking on
9 behalf of the California IOUs. The California
10 Investor-Owned Utilities represent some of the largest
11 utility companies in the western United States,
12 serving over 32 million customers in total.

13 We appreciate the opportunity to participate
14 in this rulemaking. We strongly support DOE's
15 proposal to reinstate and make effective the 2017
16 expanded scope definitions for General Service Lamps
17 and General Service Incandescent Lamps. I would like
18 to thank DOE for expeditiously initiating this
19 rulemaking.

20 We believe the changes proposed by DOE in
21 this NOPR will relieve the confusion created by the
22 withdrawal of these definitions in 2019 and along with
23 the enforcement of the 45 lumens per watt GSL backstop
24 standard will finally ensure a full transition to a
25 solid-state technology-based lighting market in the

1 U.S., securing massive savings for consumers.

2 We strongly support DOE's efforts to
3 finalize this rule as quickly as possible and to put
4 broad, firm GSL and GSIL definitions in place and in
5 effect as part of the implementation of the GSL
6 backstop standard.

7 These rules go hand in hand and are
8 essential to securing the transformative potential
9 added by solid-state lighting. We look forward to
10 participating in future General Service Lamp
11 rulemakings and supporting DOE's efforts to improve
12 the efficacy of these products. Thank you.

13 MS. CONWAY: And we have an opening
14 statement from Andrew deLaski.

15 MR. DELASKI: Good morning. This is Andrew
16 deLaski from the Appliance Standards Awareness
17 Project. ASAP is a coalition project with
18 representation from energy efficiency groups,
19 environmental advocates, consumer voices, the utility
20 sector, and state government. We welcome the chance
21 to comment today at this public hearing.

22 We supported the 2017 final rule. We
23 believe it was true to the statutory requirements set
24 by Congress and Congress's clear intent as contained
25 in the Energy Independence and Security Act of 2007.

1 DOE established appropriate and clear criteria in that
2 rule and are applying those criteria in this proposed
3 rule for an expanded definition of what is a General
4 Service Lamp. We believe that you've carried out
5 those criteria consistent and as required by the law.

6 Due to the illegal actions of the prior
7 administration, this rule has been seriously delayed,
8 as well as the application of the backstop standard
9 contained in the law. Each additional month of delay
10 locks in very large unnecessary costs for consumers
11 and additional greenhouse gas pollution, as well as
12 other pollutants. We estimate these additional costs
13 in the hundreds of millions of dollars and hundreds of
14 thousands of tons of pollution with each additional
15 month delay incurred over the life of the additional
16 needlessly inefficient bulbs sold in those months.

17 So I think it's long past time that DOE
18 implement this definition and the attendant backstop
19 requiring it for General Service Lamps and the very
20 large benefits for the public and for the environment
21 that will result.

22 On Inauguration Day, President Biden issued
23 Executive Order 13990, and the President, in that
24 Executive Order and materials connected to it,
25 identified this rule and others as actions to be

1 reviewed. So this process is being carried out
2 consistent with that Executive Order.

3 In March, Assistant Secretary Steve Stockman
4 (phonetic) identified this rule as one for review this
5 year or reinforcing the commitment under the Executive
6 Order, and that requires that the Department act on
7 this, issue a final rule, by the end of this year.

8 So it's really critical for the Department
9 because of the commitment under the Executive Order as
10 well as the costs of additional delay that the
11 Department move with all due speed to complete the
12 final rule implementing this definition as well as the
13 backstop requirement. Thank you for the chance to
14 comment, and I look forward to participating in the
15 hearing today.

16 MS. CONWAY: Okay. That was the last
17 opening remark we have.

18 MS. ARMSTRONG: Great, thanks. Anthony, I'm
19 just going to ask if you could kindly raise your hand,
20 please, just so we don't get confused as we move
21 forward? Thank you.

22 So, to give you a little bit of background
23 as we walk through the public meeting slides, the
24 Energy Policy and Conservation Act directs DOE to
25 conduct two rulemaking cycles to evaluate the energy

1 conservation standards for General Service Lamps.

2 For the first rulemaking cycle, EPCA directs
3 DOE to initiate a rulemaking process prior to
4 January 1, 2014, to consider whether to amend the
5 energy conservation standards for General Service
6 Lamps to establish a more stringent standard than EPCA
7 specifies and whether the exemptions for certain
8 incandescent lamps should be maintained or
9 discontinued.

10 Currently, EPCA defines a General Service
11 Lamp to include general service incandescent lamps,
12 compact fluorescent lamps, general service light-
13 emitting diode lamps and organic light-emitting diode
14 lamps, and any other lamps that the Secretary
15 determines is used to satisfy lighting applications
16 traditionally served by General Service Incandescent
17 Lamps.

18 Currently, GSLs do not include any of the 22
19 lighting applications or bulb shapes explicitly not
20 included in the definition of General Service
21 Incandescent Lamp or any General Service Fluorescent
22 Lamp or Incandescent Reflector Lamp.

23 EPCA defines a General Service Incandescent
24 Lamp generally as a standard incandescent or halogen-
25 type lamp that is intended for general service

1 applications, has a medium-screw base, has a lumen
2 range of not less than 310 lumens and not more than
3 2600 lumens, or, in the case of a modern, modified
4 spectrum lamp, not less than 232 lumens and not more
5 than 1950 lumens, and is capable of being operated at
6 a voltage range at least partially within 110 and 130
7 volts.

8 Currently, the General Service Incandescent
9 Lamp definition does not apply to the 22 lighting
10 applications and bulb shapes listed in this statute.

11 On January 19, 2017, DOE published two final
12 rules concerning the definitions of General Service
13 Lamp, General Service Incandescent Lamp, and the
14 associated related terms. We commonly refer to these
15 as the January 27 final rules -- 2017 final rules. In
16 these rules, DOE amended the definitions of General
17 Service Incandescent Lamp and General Service Lamps by
18 bringing certain categories of lamps within the
19 definition of both GSIL and GSL that EPCA had
20 initially exempted.

21 The first rule maintained the existing
22 exemption for Incandescent Reflector Lamps in the
23 definition of GSL, and the second rule discontinued
24 that IRL exemption. The definitions in the January
25 2017 final rules were to become effective on

1 January 1, 2020. However, on September 5, 2019, DOE
2 published a final rule withdrawing the revised
3 definitions of GSL and GSIL in the new and revised
4 definitions of related terms that were to go into
5 effect.

6 So how do we get here? What are we doing
7 today? DOE has undertaken a review of the definitions
8 of GSL and GSIL in the September 2019 withdraw rule
9 and in the January 2017 final rules. As part of this
10 review, on August 19, 2021, DOE published a Notice of
11 Proposed Rulemaking for General Service Lamp
12 definitions, which is the subject of this
13 presentation.

14 So let's talk about what we actually
15 proposed in the NOPR itself. DOE is proposing to
16 adopt the definitions of GSL and GSIL and the
17 associated supplemental definitions as set forth in
18 the January 2017 final rules. DOE's review of the
19 GSIL exclusions included the following market and
20 technology considerations. I'm not going to read all
21 these, but you can see them on your slide.
22 Candelabra-based lamps were evaluated also in the
23 context of the GSL definition.

24 On the screen, you can see that this is
25 DOE's proposed definition of General Service

1 Incandescent Lamps. You can see at the bottom this
2 definition does not apply to the following
3 incandescent lamp types.

4 Also on the slide is DOE's proposed
5 definition of General Service Lamps. I will walk
6 through these attributes. DOE proposes that a General
7 Service Lamp has an ANSI base. It is also able to
8 operate at a voltage of 12 volts or 24 volts, at or
9 between 100 to 130 volts, at or between 220 to 240
10 volts, or up 277 volts for integrated lamps, or is
11 able to operate at any voltage for non-integrated
12 lamps.

13 It has an initial lumen output of greater
14 than or equal to 310 lumens, or 232 lumens for
15 modified-spectrum general service incandescent lamps,
16 and less than or equal to 3300 lumens. It is not a
17 light fixture. It is not an LED downlight retrofit
18 kit, and it is used in general lighting applications.

19 General Service Lamps include but are not
20 limited to General Service Incandescent Lamps, compact
21 fluorescent lamps, general service light-emitting
22 diode lamps, and general service organic light-
23 emitting-type lamps.

24 In this NOPR, DOE is proposing that GSLs do
25 not include, and there's 26 enumerated examples on the

1 slide. I'm not going to walk through them all. You
2 can all see them, and they're presented in the
3 proposed definition NOPR, as well as our associated
4 rationale.

5 In this NOPR, DOE is proposing supplemental
6 definitions for the following terms. These terms are
7 meant to support and provide clarity to stakeholders
8 surrounding the General Service Incandescent Lamp and
9 the General Service Lamp definitions.

10 So I'm going to pause there actually and see
11 if anyone has specific comments or questions on the
12 definitions, the one proposed for General Service
13 Incandescent Lamp or the one proposed for General
14 Service Lamps.

15 MS. CONWAY: We have a comment from Andrew
16 deLaski.

17 MR. DELASKI: Thanks for that explanation.
18 We support the proposed modifications and supplemental
19 definitions the Department has proposed. We also
20 would encourage the Department either as part of this
21 proceeding or a subsequent proceeding to consider
22 including lamps lowering the bottom lumen threshold.

23 For example, the California Energy
24 Commission and California regulations set standards
25 covering LED lamps down to, I believe, 150 lumens and

1 that lamps in this lumen output ring or up -- this
2 will point up to the current lower threshold to
3 include lamps that historically have been a 40-watt
4 incandescent lamp or right on the border of it.

5 And these lamps -- these light bulbs are
6 often used with multiple light bulbs in a single light
7 fixture to provide general illumination for lighting
8 in homes and in other places. So we encourage DOE to
9 consider extending the definition to include those
10 lamps with a lumen output down to 150 lumens. Thank
11 you.

12 MS. CONWAY: We have a comment from
13 Stephanie Thompson.

14 (No response.)

15 MS. ARMSTRONG: Stephanie, can you hear us,
16 and would you like to make a comment at this time? I
17 think you're unmuted, but we can't hear you,
18 unfortunately. Maybe we'll skip Stephanie for now and
19 go to Chris Granda, and we'll come back to her if
20 she's able to get her microphone working. Chris?

21 MR. GRANDA: Hello, everyone. This is Chris
22 Granda with Energy Solutions for the California
23 Investor-Owned Utilities. I just wanted to speak in
24 support of ASAP's comment. As I think everyone is
25 familiar, the definition of GSL that is described here

1 has been in place in California for some 20 months
2 now, and what we see at retail is, you know, a
3 remaining cluster of low light output incandescent
4 lamps in that, you know, roughly 40-watt range. So
5 there still appears to be a place in the market for
6 them, if you will, and the California standards do go
7 lower, but where we see incandescent lamps in general,
8 it's in that low lumen output range, and there is no
9 technical reason not to cover them with the standard
10 at this point from our perspective. Thank you.

11 MS. CONWAY: We have a comment from Dave
12 Gatto.

13 MR. GATTO: Can you hear me?

14 MS. CONWAY: Yes.

15 MR. GATTO: Okay, sorry. I'm just making
16 sure I wasn't still muted. Just in response to Andrew
17 and Chris's comment, while there are lamps in lower
18 lumen bands, CEC only applied that to specific base
19 types. So just two comments I guess I would make is
20 one, that a lot of those lamps that Chris described
21 are not used in general service applications. They're
22 in specialty sign and indicator-type stuff.

23 And if DOE did choose at some point to lower
24 the lumen range below 310, one of the critical
25 components of that will be to understand what base

1 types are used in general service applications versus
2 the current definition, which is any ANSI base type,
3 which can include a lot of specialty products. Oh,
4 and I'm sorry, since Alex isn't here to kick me under
5 the table, Dave Gatto, Westinghouse Lighting.

6 MS. CONWAY: Steve Rosenstock?

7 MR. ROSENSTOCK: Yes, hi, Steve Rosenstock,
8 Edison Electric Institute. I have to be quite honest
9 with you. Like many people, I haven't been to a
10 hardware store since pre-COVID, just looking online,
11 basically, when I would need things.

12 But, again, just thinking about, you know,
13 General Service Lamps, and I remember way back when
14 seeing just some 25-watt, again, medium base, you
15 know, even the 25-watt old incandescent lamps put out
16 250 lumens. So, you know, I understand there might be
17 some out there, but just the light output is so low
18 compared to especially now what's on the market with
19 LEDs and compact fluorescents and the occasional
20 halogen. I'm just surprised, unless they're like a
21 niche product like Mr. Gatto was saying, that they
22 really have any sort of market share. Thank you.

23 MS. CONWAY: Joe Howley?

24 MR. HOWLEY: Yes, it's Joe Howley from GE
25 Lighting, and I also just wanted to clear up that

1 lamps below 310 lumens are not 40-watt lamps. Forty-
2 watt lamps typically are in the, you know, 350 to 450
3 range. You're talking about lamps that suggest, you
4 know, 15- to 25-watt lamps. And, you know, as Steve
5 surmised, these are very low market share lamps used
6 in niche applications and using very little wattage.

7 MS. ARMSTRONG: Does anybody else have any
8 comments they'd like to make on the definitions
9 themselves? If not, we'll move to discuss the
10 proposed effective date. We do thank everyone for
11 your comments to date.

12 Okay. So the proposed effective date
13 associated with the General Service Lamp definition
14 and General Service Incandescent Lamp definition, DOE
15 is proposing that the definitions in this NOPR, if
16 adopted, would become effective 60 days after
17 publication of the rule.

18 That means, if finalized, lamps included in
19 these proposed amended definitions would be subject to
20 any applicable standards for GSLs and GSILs at that
21 time. This notice does not propose any new or amended
22 standards. It also does not address the applicability
23 of the 45 lumen per watt statutory backstop
24 requirement. So I'm going to pause here and see if
25 there's additional questions and/or comments on the

1 proposed effective date?

2 MS. CONWAY: Dave Gatto?

3 MR. GATTO: Actually, I see Alex has got his
4 hand up. Alex may say what I was about to say, so
5 let's let Alex go first.

6 MR. BOESENBERG: Good morning. I'm Alex
7 Boesenberg, the Director of Regulatory Affairs for the
8 National Electrical Manufacturers Association. Sixty
9 days is an extremely short timeline in a global
10 economy. It's short even if everything was inside the
11 United States already. But, as an example, I think
12 those present on the call in the Department cannot
13 have escaped the recurrent news about how many
14 container ships are waiting to unload in the Port of
15 Los Angeles. This morning said 500,000 containers are
16 awaiting arrival and unload.

17 After they unload, they go into a Customs
18 warehouse and wait to be Cleared by customs. Once
19 they're cleared, then they're imported. That makes
20 them -- that is the date of manufacturing.

21 Today, with the amount of time that ships
22 are waiting, and I'll also interject, a lot of
23 products that we're talking about is made overseas
24 today. That's sort of what a global economy means.
25 It is possible at this time for a ship full of

1 containers with light bulbs to depart an overseas port
2 and not be unloaded and uptake by Customs inside of 60
3 days.

4 You could have a product that is paid for,
5 they paid an outrageous amount of money to ship with
6 container prices now going into the five figures and
7 container billets on a ship being sold at auction,
8 going through all of that hassle to secure transport,
9 only to have a 60-day effective date definition drop
10 while the ship is en route such that those products
11 are obsoleted before they're unloaded, and we can't
12 stop them from being unloaded.

13 So this timeline is very tight even in a
14 good scenario, and in a COVID scenario, when ports are
15 being shut down without notice due to outbreak, where
16 Customs are taking days or weeks to clear and it takes
17 days or weeks to pick up from Customs, not including
18 30 days among transit and 30 days among anchoring
19 offshore, the numbers are compounded. It just won't
20 work in today's reality. Thank you.

21 MS. ARMSTRONG: Dave, did you have any
22 follow-on you wanted to add there?

23 MR. GATTO: Yeah, actually, I do, Ash,
24 thanks, and thanks, Alex. From a timing standpoint,
25 Alex is sharing what I think everyone's aware of,

1 what's going on with the global logistical hold-ups
2 that we're all dealing with. So I think I have a
3 question for you that I'm hoping you'll answer, and I
4 guess an additional comment on what Alex said just
5 real briefly is that the production timing is longer
6 than it takes to get here, it's longer than the
7 shipping times, it's longer than, I think, non-
8 manufacturers understanding.

9 So this is in our GSIL RFI comments. So, if
10 you finalize the rule with a 60-day timeframe, we'll
11 have anywhere up to nine months of some combination of
12 component sourcing, production capacity, labor, and
13 finished goods that would not be able to meet that 60-
14 day clock. So, really, just from an informational
15 standpoint, we want to make sure that DOE understands
16 how long 60 days is in comparison to how long it
17 actually takes to make and import products.

18 The question for you is this. So, if I'm
19 reading this slide correctly, you're not addressing
20 the 45 backstop or that timing, you're not proposing
21 new standards. So then the flipside of that is that
22 this definition would actually cause some products
23 that are exempt from existing GSIL standards to be
24 subject to standards, and that's where I want to be
25 honest that those are the products that are concerning

1 particularly for the 60 days because you have goods
2 that are already in the manufacturing pipeline that
3 potentially would be non-saleable even though we've
4 already produced the goods because they haven't
5 cleared Customs yet and they couldn't clear Customs in
6 that 60-day timeframe.

7 So I guess that's the question is, is that
8 what you're saying here, is that even though you're
9 not proposing amended -- new standards, at the time
10 the definition goes into effect, would products that
11 are now -- that weren't GSLs that are now GSLs be
12 subject to the existing GSL -- I'm sorry -- GSIL
13 standard? There's no existing standard for GSL lamps.

14 So all the other stuff in the definition
15 really doesn't -- not that the timing doesn't matter,
16 but the 60 days wouldn't really cause those products a
17 problem. But the products that, you know, medium-base
18 sheet and deck lamps that are in that 310 to 2600
19 lumen range, they -- if I'm reading this correctly,
20 you're saying that they would be subject to standard
21 60 days after the publication of the final rule. Is
22 that -- do I have that right?

23 MS. ARMSTRONG: So the short answer I think
24 is yes, Dave, but I think the longer, maybe better
25 answer is DOE has stated, right, that it is

1 reconsidering its previous conclusion regarding the
2 applicability of EPCA's 45 lumen per watt backstop
3 provision and has issued an RFI to that effect seeking
4 input from stakeholders, as a couple of you have
5 mentioned today.

6 Thank you to those who have already provided
7 feedback. DOE intends to address the application of
8 standards for those lamps proposed in this definition
9 NOPR to be GSLs or GSILs in a separate rulemaking,
10 including, if determined to be applicable, the
11 implementation of the 45 lumen per watt backstop
12 requirement and whether a phased implementation would
13 be appropriate for certain lamp types.

14 Let's see. DOE understands that the current
15 GSIL standards apply at the point of manufacture while
16 the congressionally mandated backstop applies at the
17 point of sale. DOE understands it's important for
18 stakeholders to have additional clarity, which
19 specifically, I think, is what you're seeking, Dave.

20 MR. GATTO: Yes, absolutely.

21 MS. ARMSTRONG: DOE appreciates your
22 questions. It will consider them as it seeks to
23 provide this additional clarity in a separate
24 rulemaking. DOE will continue to value the input of
25 stakeholders regarding the availability of lamps,

1 specifically the different categories of lamps to
2 consumers for GSLs and GSILs.

3 MR. GATTO: Sorry, I was muted. Thank you,
4 Ashley. While that isn't the full answer that I know
5 we hoped for, I appreciate that you guys understand
6 that we're looking for certainty, I do. Thanks.

7 MS. CONWAY: Chris Granda?

8 MR. GRANDA: Yes, thank you. Chris Granda
9 from Energy Solutions for the California Investor-
10 Owned Utilities. I just wanted to comment that the
11 idea of -- while thinking in terms of the imports
12 might be relevant to the discussion here but should be
13 done in the context of the market transformation that
14 has already been underway for this crowded category.

15 The containers that Mr. Boesenberg referred
16 to waiting to be unloaded at the Port of Los Angeles,
17 if trends for 2020 continue, three quarters of the
18 lightbulbs in those containers would already be LEDs
19 in the absence of this discussion at this public
20 meeting and the actions that DOE has been taking over
21 the last two months regarding regulation.

22 I think the minute that it became clear to
23 the lighting industry that the U.S. Administration was
24 changing over nine months ago, risk-averse planners
25 would be hedging their bets by changing their

1 production plans in favor of lamps that were most
2 likely to comply with the 45 lumen per watt standard
3 and also would be under the broad definition as issued
4 by DOE in 2017.

5 So I think that the idea that there will be
6 wholesale market disruption by the short timeframe,
7 the 60-day timeframe that DOE has proposed for the
8 definition, is a little disingenuous. Thank you.

9 MR. GATTO: So, Ashley, since Chris is
10 responding to me, can I respond to Chris, or do you
11 prefer to go in the order people have their hands up?

12 MS. ARMSTRONG: That's fine, you can go
13 ahead. We'll go back to everybody in their fair share
14 of time. We have plenty of time today.

15 MR. GATTO: Thanks. And thanks, Chris. I
16 wish I were sitting across from you. It'd be easier
17 for us to kind of confer back and forth that way. So
18 I appreciate we've heard this before that
19 manufacturers should somehow be predicting the future
20 and then changing production. But that's not how
21 manufacturing works. We can't tell our customers that
22 we won't make products that are currently legal to
23 make because, if we did that, we would be at a huge
24 competitive disadvantage and may not have any
25 business.

1 So, yes, Chris, we know when the Executive
2 Order came out, and we know from signaling from DOE in
3 the RFIs that have come out and from other DOE
4 activity that we're moving in this direction, and I
5 think I've said publicly on the record before this is
6 a direction I'm actually happy to go speaking for
7 electric and gas lighting.

8 But it is not disingenuous to say that the
9 60 days would be a problem. It is honest, exactly how
10 any manufacturing industry works. This has nothing to
11 do with light bulbs. Manufacturers can't choose to
12 stop producing products because they think they won't
13 be allowed to at some point. That's why we need
14 certainty from DOE. That's why we need a final rule,
15 so we actually have that certainty, and that's why we
16 need the time, once a final rule's published, to be
17 able to adjust to it. Thanks.

18 MS. ARMSTRONG: Okay. Joe, would you like
19 to add?

20 MR. HOWLEY: Yes, Joe Howley, GE. Dave is
21 right. We need to -- as a large manufacturer, we have
22 a lot of customers. They order what they order. They
23 order what people are buying, quite frankly, and
24 people are still buying incandescent versions of these
25 lamps, especially the decorative lamps and the lamps

1 that would be affected by a sudden implementation of
2 this 60-day requirement.

3 Alex said it would be tight. It's much more
4 than tight. It would be impossible under today's
5 operating environment because you have all these
6 retailers who are still ordering incandescent versions
7 of these products that we would all of a sudden have
8 to stop making. And then the question is, what do
9 they want to order to replace them?

10 And so you have a double-edged problem of
11 products not coming in anymore, and by the time we get
12 them planned, organized, sometimes new packaging is
13 required, the orders placed, component orders placed,
14 there's shortages with electronic chips today, it's a
15 long process. It's way beyond 60 days, and then the
16 shipping port issues that have already been discussed,
17 there would be empty shelves because there are right
18 now a lot of retailers still selling these products.

19 Those products would also disappear, and it
20 would take much, much longer, probably on the order of
21 nine months or so, to get products made, shipped, and
22 over. And although we are making those products today
23 and shipping them to certain retailers, there wouldn't
24 be enough products that are currently on order, in
25 production, to serve all of the market. So there

1 would be massive market disruption in these product
2 categories. That would be missing products that
3 wouldn't be on the shelves. It would be impossible
4 not to happen under today's operating environment.

5 And I also agree with Dave that it would be
6 nice if we could predict the future and our customers
7 could predict the future and people buying these lamps
8 would say, oh, okay, we're not going to buy these
9 anymore. But that's not how the world works.
10 Customers will still buy these lamps. Retailers will
11 still order them from us. We will still make and sell
12 them for retailers ordering them.

13 And if we don't, as Dave said, some other
14 manufacturer will and take that market space up. So
15 it's not something we can control at all. Knowing
16 perhaps what's going to happen doesn't mean we can
17 control this. We can only control it when the
18 regulation actually goes final. We can have
19 conversations with our retailers about what is real,
20 not what may happen, but what just did happen. Thank
21 you.

22 MS. ARMSTRONG: Thanks, Joe. Alex, did you
23 want to say something else at this point?

24 MR. BOESENBERG: Yes, thank you. This is
25 Alex Boesenberg of the National Electrical

1 Manufacturers Association. I wanted to respond to one
2 point and then offer another statement about, you
3 know, why are we selling these products even -- why
4 are my members selling incandescent lamps.

5 I think any manufacturer will tell you,
6 while they can make just about anything, what they
7 want to make is something that someone wants to buy.
8 I think we can all remember through history some
9 interesting product we saw or some odd product we saw
10 and a new, novel whatever or a product that was too
11 soon for its time, where what I mean is it was a very
12 good product, but no one wanted to buy it, and these
13 companies go out of business because they leveraged
14 heavily into this it'll be the new mousetrap, and it
15 wasn't.

16 So what that means for incandescent lamps is
17 the reason manufacturers are sourcing and supplying
18 these is because customers are buying them. So, you
19 know, we make what people want to buy, is what I heard
20 a member say. It's not about what you can make, it's
21 knowing who will buy it that matters. So that's why
22 there are contracts for these products from a wide
23 variety of source, and that's why they're being --
24 that's why they're still in catalogs.

25 Another point and perhaps one that's less

1 contentious that I wanted to add is that in the case
2 where there is a substitute product -- let's say
3 there's a halogen version -- I'm speaking about that
4 60 days and current standards taking effect that
5 Ashley mentioned a few minutes ago.

6 In the case where there might be a halogen
7 substitute that is not a currently regulated product
8 subject to standards, but they have a halogen design,
9 they being a manufacturer somewhere, if it is not
10 regulated, that means it has not been required to be
11 tested in a certified NAFLAP or ILAC laboratory. It
12 could have been tested in a manufacturer's laboratory
13 or a less stringent lab for the purposes of satisfying
14 a Federal Trade Commission lamp label or truth in
15 advertising, so to speak, requirement, which is less
16 rigorous than the Department of Energy certification
17 standards.

18 In the case of products like that where
19 there was no reason to justify the investment in a
20 certified laboratory test because it wasn't necessary,
21 even if those products are available because it's
22 required that they be certified before they're sold
23 and certified using an improved test procedure, there
24 isn't time. Sixty days isn't long enough to test
25 lightbulbs because of some of the length of the test

1 requirements. Just getting them into a lab, having
2 them tested, is more than 60 days, so you have a
3 product that's legal to sell ostensibly, but you can't
4 prove it inside of the time it would take to have a
5 substitute available so there are not bare shelves and
6 to satisfy the customers and contract holders. And so
7 that's just a point I wanted to share. Thank you.

8 MS. ARMSTRONG: Thanks. Chris, did you want
9 to speak now?

10 MR. GRANDA: Sorry, there we go. I will
11 defer to Andrew deLaski seeing as I've already spoken
12 some.

13 MS. ARMSTRONG: That sounds good. Andrew,
14 welcome.

15 MR. DELASKI: Thanks. As I say, we support
16 the proposed rule in its entirety. The Department
17 also solicited comments on compliance in the May
18 notice, and we commented on that, as I think many
19 other stakeholders did as well, with suggestions for
20 how the Department could implement new standards.

21 And in that notice or in response to that,
22 we suggested that the Department could consider
23 implementing the standards in a phased approach with
24 the standards going into effect for high-volume lamps
25 sooner than with respect to lamps that sell that are

1 slow movers, recognizing that high-volume lamps are --
2 the slow movers might be in the inventory for -- might
3 need longer to clear inventory.

4 I want to say, though, that, you know,
5 there's a balancing here, and the Department is
6 balancing the impacts on manufacturers and retailers
7 with the impacts on the public and the environment and
8 that, as I noted in my opening remarks statement, each
9 additional month of delay does impose additional costs
10 on consumers in terms of additional needlessly
11 inefficient lamps that are, again, you know, put into
12 use and then remain in use for, in many cases, months
13 or, for some lamps, years, resulting in needless
14 climate emissions.

15 So it is a balance, and I understand that
16 there are costs -- that there are impacts for
17 manufacturers, and I think it's the important the
18 Department implement this standard in ways that are
19 smooth, that doesn't cause needless disruption, but I
20 also want to keep in mind -- folks to keep in mind
21 that there's a balancing here of impacts on
22 manufacturers, supply chain, and also impacts on the
23 market, impacts on the climate.

24 And this standard is delayed, right? We're
25 two years -- we're going to be more than two years

1 later than it should have been under the law. And
2 people have seen this coming. I want to be -- there's
3 a balancing act here and doing it in a way that
4 doesn't result in unnecessary disruption but also
5 protects and results in savings that are long-delayed,
6 I think, is important. Thank you.

7 MS. ARMSTRONG: Chris, did you have follow-
8 on remarks that you wanted to make at this time in
9 response to Andrew or others?

10 MR. GRANDA: I did. Thank you.

11 MS. ARMSTRONG: Sure.

12 MR. GRANDA: Chris Granda with the
13 California Investor-Owned Utilities. So, briefly, in
14 response to Mr. Gatto's and Mr. Boesenberg's earlier
15 comments, the fact that consumers want to buy the
16 remaining incandescent lightbulbs on the market
17 clearly defines the market failure that the energy
18 efficiency standards were designed to address.

19 I don't think there's any simpler way to say
20 that, and manufacturers make decisions that are not
21 driven by regulation all the time in anticipation of
22 changes in the markets driven by market forces or
23 regulation. We see, in anticipation of regulation,
24 before that regulation is defined, we see that
25 happening now in the automobile industry.

1 What we're talking about with this remnant
2 of the incandescent lightbulb production is the
3 exploitation of a market failure by the industry in
4 order to squeeze profitability out of the existing
5 incandescent production phase, fully amortized
6 production phase, by the way, and in the face of
7 overwhelming pressure by market forces and by
8 regulation to switch to the new technology paradigm,
9 which will be better for consumers and better for the
10 world.

11 I have a lot of sympathy for the industry in
12 having to deal with the uncertainty that it's had to
13 deal with. I agree with Mr. deLaski and support the
14 idea of DOE taking steps to minimize the disruption
15 caused by the transition. However, it is also true
16 that, without regulation, that transition will not
17 happen as quickly as it could, nor go as thoroughly
18 and completely into the market as it would without
19 regulation. Thank you.

20 MS. ARMSTRONG: And, Joe, do you have a
21 follow-on?

22 MR. HOWLEY: Yes, this is Joe Howley, GE
23 Lighting. I'd just like to offer a different
24 perspective, and that perspective is that the market
25 transformation is happening quite rapidly. We're

1 looking at this from a company that's been in business
2 for 104 years, and we've never seen such a fast and
3 complete transformation as we're seeing now with
4 literally all our traditional technologies,
5 incandescent and fluorescent and HID moving to LED
6 technology.

7 The transformation in the incandescent world
8 has been quite amazing, actually, if you look at the
9 last 10 years and how far just the market has accepted
10 these LED lamps, mostly because they weren't great.
11 They have good -- the price has come down, making them
12 much more acceptable, and consumers like them. They
13 like them much more than they like compact
14 fluorescents.

15 I think, if we were dealing with compact
16 fluorescents here, perhaps there would be some, you
17 know, truth to Chris's comment and Andrew's comment
18 that, hey, we need regulations, we need them quickly
19 to make this thing happen because consumers aren't
20 buying really the compact fluorescents, and there was
21 a big segment that wasn't.

22 But, when you look at LEDs, we're having
23 this transition happen quickly. It's much more
24 quickly than we expected as an industry, but because
25 it's been happening since this has been proposed,

1 since 2016, 2017, when we were first talking about
2 this, a big chunk of the market has by itself
3 converted to LED and will continue to do so.

4 So, really, the difference here between
5 letting the market continue -- what we're talking
6 about here is the difference between letting the
7 market continue this transformation and basically
8 trying to hurry it up a little bit with regulation. I
9 suppose the last thing regulation does is the market
10 never goes to zero by itself. There's always somebody
11 that wants to use that old technology for some reason,
12 and if you absolutely want to get to the end, then you
13 need a regulation.

14 We saw that with mercury vapor lamps that
15 were succeeded by -- sodium and metal halide, and they
16 came out in the '60s. It took forever for them to get
17 down to a low number -- 30, 40 years, I would say --
18 and then it, you know, still hovers around a couple
19 percent of the market. It's very, very minimal, but
20 it doesn't go to zero without a regulation most
21 likely. But here is this situation where the
22 difference between the market doing it and DOE
23 regulations doing it is not that great.

24 The other thing is that these are short-life
25 products. So I've heard these arguments before with

1 longer-life products, you know, if you miss a sale of
2 a new air conditioning system or a new refrigerator or
3 dishwasher, you're stuck with that for, you know, 10,
4 20 years, and the consumer loses that savings for that
5 long.

6 In this situation, these incandescent lamps,
7 on average, die in about a year, maybe a little bit
8 more than a year. So, every year, there's an
9 opportunity to switch them over to LED. So this
10 market will convert very quickly in waiting -- or
11 providing manufacturers, giving manufacturers and
12 retailers the time they need to do this in a rational
13 fashion is what's needed here. Everybody knows the
14 market's going to LED, but we need the time to do this
15 in a rational way. Thank you.

16 MS. ARMSTRONG: Thanks, Joe. Looks like we
17 might have one final comment from Steve Rosenstock?

18 MR. ROSENSTOCK: Hi, Steve Rosenstock,
19 Edison Electric Institute. I think it is important
20 that, you know, when I hear the word "market failure,"
21 I guess I'm stunned because looking at some of the
22 NEMA data, it looked like LEDs now for general service
23 lamp shipments are, like, 75 percent of the market in
24 2020, early 2020.

25 I don't have any data for 2021. I'm sure

1 someone -- other lighting experts could let me know,
2 but, I mean, the market for LED's gone from, like, 10
3 percent, and they were 0 percent, to 75 percent in
4 just several years for a lot of factors that Joe
5 mentioned, and then there's been utility programs, and
6 it's been quite, you know -- the market's responded
7 pretty well in my view.

8 And, again, there are certain people who
9 just don't like to change their habits. That happens,
10 but, again, to say "market failure" where now LEDs are
11 the dominant lighting technology for general service
12 and that's what you can find, that's mostly what's on
13 the shelves -- they're, like, 70, 75 percent of the
14 shelf space in many stores -- I don't consider that a
15 market failure. Again, I'm speaking for myself.
16 Thank you very much.

17 MS. ARMSTRONG: Thanks, Dan. And I do want
18 to get back to the focus on the definition rule. So,
19 Alex, happy to let you have the floor and say one
20 final comment, but I do want to make sure we're
21 getting meaningful comments on the definition and the
22 effective date of definitions. So, Alex, any final
23 comments?

24 MR. BOESENBERG: I'll decline, thank you.

25 MS. ARMSTRONG: Okay. All right. Moving

1 on, Naeema, can you move forward, please? So, at this
2 time, we do appreciate all the comments that we heard
3 to date with regards to the content of the definition
4 itself both for General Service Lamps and for General
5 Service Incandescent Lamps, as well as the comments on
6 the effective date or the proposed effective date of
7 the rule. We do appreciate the feedback. We welcome
8 any final remarks at this time for anyone that wants
9 to make them. Alex, go ahead.

10 MR. BOESENBERG: Thank you, Ashley. This,
11 again, is Alex Boesenberg of the National Electrical
12 Manufacturers Association. I want to thank the
13 Department for hosting this meeting and for explaining
14 as much as you have and for listening as well.

15 We will be submitting written comments with
16 additional detail, as well as referring to some
17 comments we've already given, such as was mentioned
18 with the backstop RFI and some others potentially
19 where we have made relevant descriptions of the
20 process or timing in association with retailers in the
21 past. We're going to try to put that all in one
22 document so we don't force folks to pick things out of
23 other dockets. And we always are available for any
24 questions or clarifying data requests and so forth
25 from the Department. Thank you.

1 MS. ARMSTRONG: Thanks, Alex. Anybody else
2 want to make any final remarks?

3 (No response.)

4 MS. ARMSTRONG: So, as Alex alluded to, we
5 welcome written comments as a follow-up to today's
6 proceeding and on any topic that's in the definition
7 proposed rule that's out for comment. Just a friendly
8 reminder, as I said at the outset, the comment period
9 closes on October 18, and we really value your input.

10 Thanks to all of you for participating today
11 and for the discussion, and thanks in advance for the
12 comments that you are going to submit in response to
13 the proposed definition rule. We really appreciate
14 it. We hope everyone has a great Thursday, and thank
15 you.

16 (Whereupon, at 10:59 a.m., the webinar in
17 the above-entitled matter adjourned.)

18 //

19 //

20 //

21 //

22 //

23 //

24 //

25 //

REPORTER'S CERTIFICATE

DOCKET NO.: EERE-2021-BT-STD-0012
CASE TITLE: Definitions For GSLs and GSILs
HEARING DATE: September 30, 2021
LOCATION: Washington, D.C.

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the U.S. Department of Energy, Office of Energy Efficiency and Renewable Energy.

Date: September 30, 2021



Whitney Smith
Official Reporter
Heritage Reporting Corporation
1220 L Street, N.W.
Suite 206
Washington, D.C. 20005-4018